

ORIGINAL

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

PUBLIC MEETING  
ON BEHALF OF  
MASON & HANGER-SILAS MASON CO., INC.  
AND THE  
IOWA ARMY AMMUNITION PLANT

PZAZZ MOTOR INN  
THURSDAY, JULY 9, 1998

TRANSCRIPT OF MEETING

APPEARANCES:

Mr. Rodger Allison, Project Manager, IAAP  
Mr. Derek Romitti, U.S. Army Environmental Center  
Mr. Kevin Howe, U.S. Army Corps of Engineers  
Mr. Scott Marquess, Environmental Protection Agency  
LTC Jyuji Hewitt, Commander, IAAP  
Mr. David Scharre, Project Manager, Harza  
Environmental Services, Inc.

## Introductions

1 (Time: 7:00 p.m.)

2 MR. ALLISON: Okay, I think we'll go ahead  
3 and get started. I'd like to welcome everyone.

4 My name is Rodger Allison, I'm the project  
5 manager for restoration efforts out at the Iowa Army  
6 Ammunition Plant. And this evening we're here to  
7 accept public comments and discuss the overall project  
8 regarding soil cleanup out at the Iowa Ammo Plant and  
9 accept specifically comments regarding the feasibility  
10 study and proposed plan that regards the cleanup of  
11 soils that are stockpiled in what is called the  
12 Corrective Action Management Unit or otherwise known as  
13 the CAMU.

14 Before we begin I think I'd like to go right  
15 down the line and let everyone introduce themselves,  
16 and when it gets down to Colonel Hewitt he had some  
17 opening remarks for us.

18 So, Derek.

19 MR. ROMITTI: I'm Derek Romitti from the Army  
20 Environmental Center. It's located at Aberdeen Proving  
21 in Maryland. Our agency had the lead on the  
22 investigation portion of the project prior to or  
23 leading up to the remediation portion, which we  
24 transferred or transitioned to the Army Corps of  
25 Engineers, Omaha District.

## Introductions

1           MR. HOWE: I'm Kevin Howe from the Army Corps  
2 of Engineers out of the Omaha District, and as Derek  
3 indicated, the Corps of Engineers took over the cleanup  
4 activities at IAAP, or most of them, in a transition  
5 from Army Environmental Center who did two preliminary  
6 studies and so forth, and we are now in a design and  
7 construction phase and I am the project manager for the  
8 Omaha District and the activities that we're performing  
9 out here at Iowa AAP.

10           MR. MARQUESS: I'm Scott Marquess, I'm with  
11 the EPA in Kansas City and I'm in the Superfund program  
12 and we provide oversight of all the cleanup activities  
13 that the Army does at the plant under the Superfund or  
14 circular program. And just so you know before we get  
15 into this, we've selected this cleanup strategy for the  
16 soils that are stockpiled out at the plant jointly with  
17 the Army, and EPA supports the remedy that the Army is  
18 going to tell you about, propose to you tonight, so --

19           LTC HEWITT: I'm Lieutenant Colonel Jyuji  
20 Hewitt, the Commander at the Iowa Army Ammunition  
21 Plant. I want to welcome you all to come here. I know  
22 just like many of you, I'm a parent and there's a lot  
23 of conflicts out there which you probably rather do,  
24 you know, there's ball games and all that other stuff,  
25 so I really appreciate you all coming out here to

## Introductions

1 support this effort.

2 I've said many occasions that the Army is  
3 interested in the environment. I think that's part of  
4 the program which you're seeing here. You see some of  
5 the program managers that we have ongoing with the  
6 project out there. It is a team effort, and you, the  
7 community, is part of that team. We have had a great  
8 project going on as far as restoration. You see the  
9 pictures on the wall kind of depicts the history of the  
10 project.

11 What we're going to talk about is how to  
12 handle the explosives in the soil which is part of that  
13 overall project, and we can do a lot of the work, but,  
14 you know, we recognized a long time ago it works best  
15 if we have community input as well and that's where you  
16 all come in, so I really welcome you all to come in,  
17 listen to the briefing, apply your comments, and if  
18 you've got any questions at the end kind of direct them  
19 towards Rodger, who is my staff advocate for the  
20 environment at the Iowa Army Ammunition Plant.

21 And with that being said, let's roll the  
22 tape, as they say.

23 MR. ALLISON: Okay. Thank you, Colonel.  
24 That's -- I do want to point out that the feasibility  
25 study was our -- well, it describes the alternatives

## Introductions

1 that we considered. It goes pretty well in-depth on  
2 various phases of all those alternatives and the  
3 proposed plan which is a more concise document, a  
4 shorter document, it identifies our preferred  
5 alternative.

6 Now, when we say our preferred alternative,  
7 that, that indicates, that doesn't mean it's strictly  
8 the Army's. We've been working with the EPA, we've  
9 been working with other agencies, we have the  
10 Restoration Advisory Board that has been coming on  
11 board and been working with us. But if any of you that  
12 haven't been able to see any of the documents -- at  
13 your leisure you can currently view those documents at  
14 our public repository which is at the Iowa Army  
15 Ammunition Plant, they're in the Visitor Welcome  
16 Center, it's in the Public -- Burlington Public Library  
17 and it's at the Danville City Hall, so please feel free  
18 at any time to go down and view these documents as well  
19 as the overall restoration project documents at your  
20 leisure.

21 This is the last step before we move into the  
22 record of decision, so we, we certainly do welcome your  
23 comments and we value your input.

24 I think at this point I'll turn it over to  
25 Dave Scharre, who is a contractor to the Corps of

## Presentation

1 Engineers. He comes from Chicago. He's with Harza  
2 Environmental Services.

3 Dave.

4 MR. SCHARRE: Thank you, Rodger. I'm  
5 custodian of a rather cantankerous computer which  
6 displeases me, so I'm glad to see it is working.

7 My name is Dave Scharre, I'm with Harza  
8 Environmental Services. We've been serving as  
9 consultants, consulting engineering working with the  
10 Army and the EPA developing and evaluating alternatives  
11 for treatment of the soils that Rodger is referring to,  
12 contaminated soils, soils on-site. The results of our  
13 work are summarized, presented in the feasibility study  
14 that Rodger mentioned and then summarized post plan,  
15 which is the subject of this evening's presentation and  
16 discussion.

17 First I'll talk briefly about the purpose of  
18 the proposed plan. It's first to describe the remedial  
19 alternatives that were considered for the treatment of  
20 the soils and then identify what Rodger referred to as  
21 the preferred alternative and explain that to you,  
22 present the rationale for that selection, explain why  
23 we came to that conclusion, and then solicit input  
24 from, from the public. This is identified as the  
25 preferred alternative. Changes in that plan may be

## Presentation

1 made if public comment indicates that some more  
2 appropriate plan should be, should be implemented.

3 The proposed plan document that some of you  
4 may have seen follows the outline that's presented on  
5 the screen here and this is basically the outline that  
6 I'll be using to talk through this evening in the next  
7 half hour or so. We'll talk a little bit about the  
8 site background, about the history of the site,  
9 previous investigations and actions that have been  
10 undertaken relating to soils contaminated there. We'll  
11 talk briefly about site risk, the reasons why the soils  
12 were, were considered a problem in the first place.  
13 We'll talk about the scope and role of the action that  
14 we're undertaking now, the remedial action objectives;  
15 that is, what we intend to do. We'll summarize the  
16 alternatives that were considered, describe some of the  
17 evaluation of alternatives and then present the bottom  
18 line, the preferred alternative, for discussion.

19 First of all, let me say as I go through the  
20 discussion if you have some questions please raise your  
21 hand, ask them. If it's something that I'll be getting  
22 to a little bit later I may just indicate that.  
23 Otherwise we can talk about things or we'll have a  
24 period for discussion again.

25 One other point, there are lots of acronyms

## Presentation

1 used in this, in this business. I'm going to try to  
2 explain what they are the first time I introduce them,  
3 but if I just rush over something or don't explain it  
4 thoroughly enough, again, please raise your hand and  
5 stop me.

6 I'll assume you're all relatively familiar  
7 with the site as far as background, the site and the  
8 history. That is, that the plant has been used for  
9 production of munitions since World War II, is still in  
10 operation, although limited operation, certainly less  
11 than at its peak.

12 The contamination that is on-site has been  
13 caused by those past operating practices over the last  
14 50 years or so. Those -- and I do want to emphasis  
15 past practices. Those practices have changed, a number  
16 of modifications have been made over the years, but  
17 there's contamination from the past that has to be  
18 cleaned up. The site was listed on the NPL, the  
19 National Priority List, which is the federal  
20 government's, the EPA's list. When it was listed in  
21 1990 a Federal Facilities Agreement was established  
22 between the Army and the EPA outlining the procedures  
23 for addressing the problems on-site.

24 The Army is the lead agency in undertaking  
25 remediation, investigations and remediations and EPA is



## Presentation

1 providing the oversight of that work and working very  
2 closely with the Army.

3 A number of investigations have been  
4 conducted looking into site conditions, starting really  
5 in about the mid '70s. Several cleanup projects were  
6 initiated in '95 through '97 dealing with specific  
7 areas of contamination in various places. As I'm sure  
8 you know, it's a very large site and there are a number  
9 of independent areas that had to be dealt with. What  
10 is called an Interim Action Record of Decision, or ROD,  
11 was produced and formalized in March of this year.

12 This Interim Action ROD deals with the beginnings of  
13 the soil remediation. The proposed plan that we're  
14 talking about tonight is the final step for that soils  
15 remediation when we are done with this interim action.

16 The outcome of the interim action was that a  
17 number of areas of soil contamination around the site  
18 were identified and a plan was developed to excavate  
19 the soil from all of these different areas and bring  
20 them to a central location on-site. Soils were  
21 characterized based on the level of contamination they  
22 found. They varied from very high to very low, still  
23 low enough where action was necessary. The highest  
24 levels of contamination, soils with the highest level  
25 of contamination were excavated and stockpiled in what

## Presentation

1 I think Rodger referred to as the Corrective Action  
2 Management Unit or CAMU. This is an engineered  
3 landfill on-site, it's intended for temporary storage  
4 and stockpile until those soils can be treated as a  
5 result of the proposed plan we're discussing here  
6 tonight.

7 Soils with moderate contamination and lower  
8 levels of contamination were excavated and permanently  
9 disposed on-site in either the on-site soil repository  
10 or the inert landfill. Both of those are also  
11 engineered landfills intended to contain these  
12 materials and these, for these moderate and low levels  
13 of contamination this is an appropriate permanent  
14 remedy for those materials.

15 The CAMU, itself, is the subject of the  
16 proposed plan and the final action will be undertaken.  
17 The CAMU will contain, when it's completed, close to  
18 10,000 cubic yards of contaminated soil. That soil can  
19 be grouped in three different categories. The largest  
20 grouping is contaminated with explosives residues as  
21 might be expected from the site. Small quantity, about  
22 600 cubic yards, is contaminated with explosives plus  
23 metals at high enough levels to be of concern. And  
24 finally, very small quantity, around 200 cubic yards,  
25 is contaminated with what is referred to as

## Presentation

1 semi-volatile organic compound or SVOCs. These are a  
2 few, a handful of different organic materials that,  
3 that result in a different classification for that  
4 material.

5 As far as risk of this material, a baseline  
6 risk assessment was developed previously to evaluate  
7 the risks of soil contamination at the site prior to  
8 beginning any of these remedial actions, prior to  
9 beginning the excavation. This actually provided the  
10 basis for classifying the soils as high, medium or low,  
11 low levels of contamination. What that really refers  
12 to as high, medium or low levels of risk from risk to  
13 human health or the environment. Those site risks have  
14 been mitigated or are being mitigated through  
15 containment in the CAMU or the soils repository or the  
16 inert landfill and treatment of the materials in CAMU.

17 The treatment is what we're going to be  
18 talking about. Just in an overview of histories at the  
19 plant, there are four what is called operable units  
20 that have, have been established, actually three that  
21 are functioning now. OU number -- operating unit #1  
22 deals with soil contamination throughout the site.  
23 OU #2 was used on an interim basis; for simplicity and  
24 completeness was merged in with OU #1 soils, not used  
25 anymore.

## Presentation

1           OU #3 deals with groundwater issues, whether  
2 on-site or off-site, and OU #4 is permanent,  
3 installation-wide unit, that, that will deal with, call  
4 it odds and ends -- final closure of the CAMU after all  
5 the soil has been taken out and treated, it will deal  
6 with what is termed institutional controls such as  
7 possibly deed restrictions on future uses of the  
8 property, it may deal with environmental risks that  
9 might be identified sometime in the future, really any  
10 other issues that may come up in the future that are  
11 not already being covered under OUs #1 and 3.

12           Now, the proposed plan that is out for  
13 discussion right now is dealing just with OU #1. It's  
14 the final action for soils under OU #1. Groundwater  
15 and these odds and ends will be taken care of under  
16 OUs 3 and 4, but those, those are separate, separate  
17 actions. There will be other meetings such as this in  
18 the future with regard to them.

19           Remedial action objectives for the final  
20 soils action are identified on the screen now and there  
21 are really three types of objectives here.

22           First is to provide treatment of these soils  
23 that are contained in the Collective Action Management  
24 Unit to reduce toxicity, mobility and volume of the  
25 materials that are contaminants. Second, to comply

## Presentation

1 with some regulatory requirements that are referred to  
2 as land disposal restrictions, or LDRs. They're  
3 mentioned in the discussion. And finally, to provide  
4 -- finally and, really, overall to provide for the  
5 long-term protection of the health, human health and  
6 the environment in this area.

7           There are two methods of achieving compliance  
8 with those objectives that come into play in dealing  
9 with the soils. First is treatment followed by  
10 management of the treated residuals in a landfill  
11 on-site. Second is the possibility of treatment to  
12 even lower levels, a greater degree of treatment  
13 followed by unrestricted land application. These lower  
14 levels would, of course, also be based on risk  
15 considerations and assurances that there are no  
16 unacceptable risks with that action.

17           Remedial alternatives that are presented in  
18 the proposed plan have been developed for each of the  
19 three classifications of contamination because there  
20 are differences in the contaminants, there are or may  
21 be differences in the ways in which they can be  
22 handled, so we developed alternatives for each type of  
23 soil contamination independently.

24           First we'll talk about  
25 explosives-contaminated soils. I'll present the

## Presentation

1 alternatives that have been developed for those, and  
2 then we'll talk about the smaller volume of explosives  
3 plus metals and then the even smaller volume  
4 contaminated with SVOCs.

5 Four alternatives were developed in detail  
6 and presented in the proposed plan for dealing with  
7 explosives-contaminated soils. Really are two thermal  
8 alternatives in consideration and what is called low  
9 temperature desorption or LTTD and then two biological  
10 options, composting and what is called bio-slurry  
11 treatment.

12 There are a number of common elements to all  
13 four of these and I'll talk about them briefly and then  
14 get into the specifics or the differences among them.  
15 First, they all involve excavation of soils from the  
16 CAMU, the Corrective Action Management Unit, and  
17 transport of those soils to a temporary treatment  
18 facility on-site.

19 They all involve preparation of the soils for  
20 treatment, screening and grinding of the, crushing and  
21 shredding of the soils and then blending to provide a  
22 more uniform feed to provide a more uniform treatment,  
23 and then treatment using whatever specific technology  
24 is identified by the alternative. That's really what  
25 varies is the treatment technology. After treatment,

## Presentation

1 confirmation sampling will demonstrate and will verify  
2 that the treatment was effective in reaching the  
3 treatment goals, treatment requirements, and then the  
4 treated soils, the residuals will be disposed of  
5 on-site. So these are common to all four of the  
6 alternatives.

7 First alternative in consideration involves  
8 use of the mobile rear kiln incinerator on-site. This  
9 mobile unit would include appropriate air emissions  
10 controls to control releases and comply with  
11 regulations on air emissions. Trial burn would be  
12 conducted and risk assessment will be, would be  
13 developed and presented to the public prior to  
14 implementation of this alternative. Both of these  
15 would monitor the performance and emissions and safety  
16 issues associated with incineration.

17 The actual treatment, itself, only takes a  
18 couple of months of facility operation on-site. The  
19 total project, though, takes about two years to  
20 implement. The initial year and 10 months or so, the  
21 initial part of the work involves developing the  
22 specifications for the work, soliciting bids, reviewing  
23 the bids and awarding contracts, conducting the trial  
24 burn, developing the risk assessment, developing work  
25 plans that detail the procedures that the, that will be

## Presentation

1 used in the operations, mobilizing the equipment  
2 on-site and getting it set up and so on.

3 The second alternative, low temperature  
4 thermal desorption, uses the technology that are in  
5 many respects similar to incineration. The differences  
6 are primarily technical. The biggest is that it  
7 operates at a lower temperature. Because it operates  
8 at a lower temperature in the initial chamber the  
9 equipment is, doesn't need to be as, as robust, it can  
10 operate safely and effectively so it's less expensive  
11 to build, operating at a lower temperature is less  
12 expensive to operate. It also involves moving mobile  
13 equipment on-site, includes appropriate air emissions  
14 control facilities. A trial burn and risk assessment  
15 also are required for low temperature thermal  
16 desorption.

17 The operation takes a little bit longer, it  
18 takes about six months to complete, just operates at a  
19 somewhat slower rate. The overall project, then, is  
20 about two and a half years, again the same planning  
21 activities up front.

22 The third alternative and the first  
23 biological alternative is composting. This alternative  
24 is, use of technology really is something you may be  
25 familiar with if you have a compost pile in the back



Presentation

1 yard for grass clippings and leaves. It's really the  
 2 same, same idea, the same technology. Soils are  
 3 blended with appropriate amendments to provide some  
 4 structure and provide some nutrients for  
 5 naturally-occurring microorganisms, environmental  
 6 conditions are maintained in terms of temperature and  
 7 moisture and air and the microorganisms degrade the  
 8 contaminants and break them down.

9 There's also a binding operation as a result  
 10 of composting. Contaminants are degraded and then  
 11 complexed with the soil matrix, itself. A temporary  
 12 shelter would be provided so that this operation can go  
 13 on year-round, environmental conditions could be  
 14 controlled in the wintertime or in the rain. It takes  
 15 about a year to complete the treatment operation,  
 16 itself, so adding the two years of planning and so on  
 17 up front, a total of about three years of, for the  
 18 project.

19 The finished compost may, may be suitable for  
 20 direct land application if additional testing and  
 21 investigations confirm that the destruction and binding  
 22 of contaminants is complete enough for the direct land  
 23 application to be safe. Otherwise the compost would be  
 24 landfilled on-site. That, in fact, is the basis for  
 25 the cost estimating that's presented in this -- is the

## Presentation

1 assumption it would be landfilled on-site.

2           The fourth alternative dealing with  
3 explosives-contaminated soils is what is termed  
4 bio-slurry treatment. In this case the soils and  
5 amendments, nutrients and so on are treated in a wooden  
6 liquid slurry. They're made up in liquid slurry and  
7 then treated in temporary facilities that would be  
8 erected on-site. These temporary facilities are really  
9 very similar to what is used for biological wastewater  
10 treatment, for treatment of wastewater in a municipal  
11 wastewater treatment plant. It takes about three to  
12 five years to process the soils in this manner; adding  
13 the initial planning activities up front, a total of  
14 five to seven years for this alternative.

15           Those were the four alternatives that were  
16 evaluated in detail for the explosives-contaminated  
17 soils.

18           For the soils that are contaminated with  
19 explosives plus metals there are three alternatives  
20 that were developed and presented. The first one  
21 involves processing these soils through whatever is  
22 selected for the explosives-contaminated soils, one of  
23 those first four, to take care of the explosives  
24 portion, and then following up with a solidification  
25 process to deal with the metals.

## Presentation

1           Solidification would involve blending the  
2 soils with cement, fly ash, other materials that then  
3 form a solid matrix and bind the metals contamination  
4 within that solid matrix so that they're immobilized,  
5 they can't, they can't move, they can't leave the site.  
6 That residue would then be, be landfilled and managed  
7 on-site.

8           The second alternative is a variation on the  
9 first. Instead of processing these soils along with  
10 the first group of soils, explosives-contaminated  
11 soils, this, these soils that have explosives and  
12 metals would be processed separately using a  
13 solidification/stabilization process that uses both the  
14 cement-fly ash technique for binding up the metals and  
15 the addition of activated carbon for binding up the  
16 explosives, so the combination of those produce a  
17 matrix that binds both of the contaminants concerned  
18 into a solid material that again is landfilled on-site.

19           The third alternative for this small volume  
20 of soils was the possibility of off-site disposal.  
21 Off-site disposal, of course, would be a commercial, a  
22 licensed commercial waste disposal facility.

23           The third category of contamination,  
24 contaminated soils was those contaminated with SVOCs,  
25 the semi-volatile organic compound. The first four

## Presentation

1 alternatives presented here are the same as were  
2 presented for the explosives only; that is,  
3 incineration, low temperature thermal desorption,  
4 composting, bio-slurry treatment. And the last one for  
5 this small volume was off-site disposal again in a  
6 commercial licensed, regulated, off-site disposal  
7 facility.

8 As a description of the alternatives that are  
9 presented in here were developed in detail, each of  
10 these alternatives was evaluated against nine specific  
11 criteria that are identified in the EPA regulations.  
12 These criteria are listed on the slide and the next  
13 slide, couldn't get all of them here.

14 The first one was overall protection of human  
15 health and the environment. This, of course, is the  
16 basic requirement of all of the work that's done here.

17 Second is compliance with what is termed  
18 applicable or relevant and appropriate requirements, or  
19 ARARs. There are a number of different regulations  
20 that either apply directly to specific activities or  
21 are at least relevant and appropriate and they all need  
22 to be considered.

23 After these two initial threshold criteria  
24 there are several other criteria. The long-term  
25 effectiveness and permanence of the alternative, the

## Presentation

1 alternative's ability to reduce the toxicity, mobility  
2 and volume of contaminant. The short-term  
3 effectiveness -- short-term effectiveness refers to  
4 effectiveness while the process is actually under way,  
5 so if you're concerned in connection with things such  
6 as safety for the operators, the safety for the  
7 community while the remedial action is being  
8 undertaken.

9 In addition, we had to evaluate the  
10 implementability of the alternatives, can we really do  
11 those things or not under these site-specific  
12 conditions, the cost of the alternatives, and then  
13 state and community acceptance. Are these going to be  
14 acceptable with you.

15 These are the nine criteria that were  
16 evaluated, and we go to each of them individually in  
17 relation to the explosives-contaminated soils, the  
18 largest volume of soils that we're dealing with.

19 First, overall protection of human health and  
20 the environment. Well, both thermal processes and the  
21 biological processes provide treatment, they provide  
22 destruction and/or degradation of the contaminants to  
23 acceptable levels and management of any residuals,  
24 on-site in a landfill or other manner. So they all  
25 meet that requirement.

## Presentation

1           There are a number of ARARs, applicable or  
2 relevant and appropriate requirements, that apply to  
3 all of these alternatives. The thermal treatment  
4 alternatives have a couple of extra requirements that  
5 would apply to them. These would relate to air  
6 emissions and combustion facility risk assessment. The  
7 biological processes would not have those ARARs to deal  
8 with. Otherwise the regulations are pretty much the  
9 same on all of them.

10           Long-term effectiveness and permanence of the  
11 process. Both the thermal and biological treatment  
12 processes are considered irreversible. The processes  
13 degrade the materials or destroy the materials and the  
14 materials are then not going to recombine or reform on  
15 their own sometime in the future. The destruction is  
16 more complete with the thermal processes, as may be  
17 expected.

18           The reduction of toxicity, mobility and  
19 volume. Both thermal treatment and the biological  
20 treatment reduce the contaminant below the  
21 requirements. Although the thermal treatment provides  
22 a greater degree of reduction, as I indicated on the  
23 previous slide, biological treatment provides enough  
24 reduction to meet the requirements, manage the risk  
25 associated with any residuals that might remain. So

## Presentation

1 both of them do address the toxicity and mobility of  
2 contamination.

3           As far as volume change goes, incineration,  
4 as you might expect, reduces the amount of volume. The  
5 compost will actually increase the amount of soil to be  
6 dealt with. It will destroy or degrade or bind up  
7 contaminants, but the volume of soil will increase  
8 because there are amendments that are added to the  
9 compost. The volume may increase by 50 to 100 percent,  
10 so we may have more soil to deal with. There's room on  
11 the on-site landfills to contain this additional  
12 volume, that's not a problem. The low temperature  
13 thermal desorption and bio-slurry are not expected to  
14 have any significant change in the volume.

15           Short-term effectiveness is the next  
16 criterion. In general, alternatives are short-term  
17 effectiveness. The thermal treatment, as we mentioned  
18 previously, do require combustion risk assessment to  
19 identify the appropriate measures to be taken to manage  
20 risk and provide for short-term effectiveness and plan  
21 those measures now.

22           In terms of implementability, all of these  
23 technologies use commercially available equipment.  
24 There are multiple vendors available to furnish these  
25 technologies. All of them do require some additional

## Presentation

1 testing, testing has been -- testing of one sort or  
2 another has been undertaken on these specific soils  
3 using each of these technologies, but some additional  
4 testing, the trial burns for the incineration processes  
5 and some additional treatability testing to further  
6 define the specific requirements for composting or  
7 bio-slurry treatments under these site-specific  
8 conditions would be required, so that's equivalent for  
9 all of the alternatives.

10           There are differences in the time required,  
11 as I indicated when we talked about the alternatives  
12 individually. Consideration of low temperature thermal  
13 desorption might be two, two and a half years to  
14 implement, composting around three years, bio-slurry  
15 five to seven years or longer.

16           Cost is, of course, a factor in  
17 decision-making of this sort as well. This slide  
18 presents on the left individual alternatives. The  
19 second column is the capital cost, which is the cost of  
20 the initial construction, the initial setup and the  
21 initial planning and the initial testing, all of the --  
22 everything that's needed to get things under way. And  
23 then operating cost, costs to continue to do the  
24 treatment and the variable costs depending on the  
25 volumes. And then finally in the right-hand column all



## Presentation

1 -- the capital and operating costs were pulled together  
2 in what is called present worth so that we can compare  
3 alternatives.

4           If we have an alternative that has high  
5 capital cost but a low operating cost but a long period  
6 of operation and another one that has a low capital  
7 cost but high operating cost, a short period of  
8 operation, it may be a little difficult to pull things  
9 together -- it's present worth equalizes them, and as  
10 the note says, does include contingency as well. As  
11 you can see from the figures presented here, the total  
12 cost for incineration is noticeably higher than the  
13 other alternatives, it's expensive. The equipment is  
14 expensive and the energy it takes to run it is  
15 expensive.

16           Low temperature thermal desorption, the  
17 composting, and even the bio-slurry treatment are --  
18 within the precision of these sorts of estimates, are  
19 pretty close. The bio-slurry treatment may be a little  
20 bit more expensive than the other two, but for  
21 discussion purposes they're very similar, they're  
22 close.

23           The last two evaluation criteria were state  
24 and community acceptance, and that's what you're here  
25 for. Those issues will be addressed at the end of the

## Presentation

1 public comment period and take questions later at the  
2 end of the presentation, will be receiving written  
3 comments through July 20th, and then all of those  
4 comments will be brought together and addressed in what  
5 is called the Record of Decision, the ROD, which is the  
6 formal legal document that comes out of all of this.

7           That's the evaluation of the alternatives for  
8 the largest volume of soils, contaminated with  
9 explosives only. We went through a similar analysis,  
10 similar evaluation for alternatives dealing with soils  
11 contaminated with explosives plus metals. The results,  
12 quite frankly, were, are very similar to the  
13 alternatives that, to the evaluation we just went  
14 through. I had slides originally prepared for that,  
15 going through each of them again, and we decided that  
16 was going to be too repetitive, too redundant. The  
17 bottom line is there were no significant differences  
18 among any of those alternatives for dealing with  
19 explosives plus metals.

20           As far as costs go for this class of soils,  
21 the first alternative treatment with the explosive  
22 soils treatment followed by solidification and  
23 stabilization, and the second one dealing with these  
24 separately through a solidification/stabilization  
25 process, they're very similar. Off-site disposal at a

## Presentation

1 commercial facility is more costly.

2           The SVOC-contaminated soils, again, the  
3 results of evaluations of these alternatives are  
4 presented in the proposed plan. Again, no significant  
5 differences between them, the evaluations are very  
6 similar to what we talked about previously. The one  
7 difference of note is that the effectiveness of  
8 biological treatment for these compounds is, I'd have  
9 to say, uncertain. The effectiveness varies with the  
10 specific compound, some are very -- some SVOC compounds  
11 are very amenable to biological treatment processes,  
12 others are more resistant, and testing has not been  
13 done on that small volume of soils using biological  
14 process fees that were to be implemented and then  
15 testing, of course, would have to be done.

16           Costs really, regardless of which way we  
17 approach it, the volumes are so low that the cost  
18 differences are not significant. We're talking at  
19 least, at least compared to the total project it's not  
20 a significant cost. Compared to my checkbook, yeah,  
21 it's still a real number, but the difference in the  
22 overall scope, the differences between the alternatives  
23 are not significant.

24           So, finally, the bottom line preferred  
25 alternative. As presented here in the proposed plan,

## Presentation

1 preferred alternative for dealing with the  
2 explosives-contaminated soils, the largest volume, is  
3 low temperature thermal desorption. That appears to be  
4 -- that's a very effective way of dealing with these  
5 soils, very economical way, it's relatively quick way  
6 of dealing with the soils as well.

7 Biological treatment has been identified as  
8 contingency. As I indicated, there is additional  
9 testing to be done on all of these processes, really,  
10 but additional testing to be done on low temperature  
11 thermal desorption and the combustion risk assessment  
12 to be prepared and presented to the public. If the  
13 outcome of that has some surprises, if it's not  
14 satisfactory, it's not acceptable for one reason or  
15 another, then the contingency is biological treatment,  
16 which also this is a very effective way of dealing with  
17 these soils, it's just overall the balance is in favor  
18 of the low temperature thermal desorption.

19 For the soils contaminated with explosives  
20 plus metals, the solidification/stabilization with the  
21 activated carbon is the preferred alternative. This  
22 way, these soils are dealt with separately from the  
23 explosives-contaminated soils and are dealt with  
24 independently, they're not contingent upon anything  
25 else, can be dealt with and gotten out of the way.

## Presentation

1           And, finally, for the SVOC-contaminated  
2 soils, preferred alternative is off-site disposal at a  
3 commercially licensed, regulated waste disposal  
4 facility. It's a small enough volume that it's really  
5 not worth dealing with in any of the other ways,  
6 there's a very simple way of getting it done.

7           So that's the end of my presentation here.  
8 I'd turn it back over to Rodger for discussion,  
9 questions and comments. As noted on the screen, the  
10 public comment period ends July 20th. The formal  
11 responses to the comments, both comments presented here  
12 and comments presented in writing, will be presented in  
13 the Record of Decision.

14           MR. ALLISON: Okay, thanks, Dave. That was  
15 an excellent presentation. Thank you very much.

16           As Dave said, the public comment period does  
17 end July 20th, so you have a little time to, to prepare  
18 any written comments or questions that you'd like to  
19 pose to us regarding this selection, you know, if it  
20 comes to you later and then we'll respond as well  
21 formally in the Record of Decision, and I'm sure that  
22 we can make sure that you get a personal response as  
23 well.

24           So like to open it to the floor for  
25 questions, comments.

## Questions and Comments

1           MARK HAGERLA: One comment, Rodger. The  
2 incinerators you have on-site now, I know they're not  
3 large enough for big volumes, but are they capable of  
4 doing any of this project?

5           MR. ALLISON: No, and the reason I say no,  
6 first of all, we've not looked into it and I think  
7 there would have to be some additions or adjustments  
8 made to those particular processors to, so they can do  
9 the job that we're after. The low thermal treatment  
10 isn't a direct incinerator, so it cooks off the  
11 explosive or the compound and moves that air into  
12 another chamber and that's where it burns it off from  
13 that, that air, and our processes don't handle it quite  
14 like that.

15           MR. MARQUESS: I think that's soil handling  
16 issues.

17           MR. HOWE: The process is different enough  
18 that I don't think the existing facilities would be  
19 well suited to do it either in materials that they  
20 would have to handle or volumes that they would have to  
21 handle and there may be -- I suspect there would be  
22 permitting issues, too. I think they're permitted for  
23 a specific use and this would not fall within the  
24 permitted use of those facilities, that's not what  
25 they're designed to do, and I suspect there would be

1 quite a host of problems in trying to do it that way.  
2 And I think you want to bring in a unit that's  
3 specifically capable of doing exactly what we want  
4 done.

5 Eric.

6 ERIC ORTH: Two questions. First, one of the  
7 problems with the incineration as the method of  
8 treatment is that you totally destroy organisms present  
9 in the soil, making it rather difficult to use it for  
10 anything. I didn't get a good feeling whether LTTD  
11 does the same sort of thing or if it's a low enough  
12 temperature you're not seeing that total breakdown.

13 MR. HOWE: We'll pass that off to Dave,  
14 you're probably best to respond to that.

15 MR. SCHARRE: Certainly there will be  
16 degradation of other organic compound in the soils. We  
17 can't make this selective to, to only the contaminants  
18 that we're concerned with and leave the others alone.  
19 This does operate at mostly lower temperature than  
20 incineration. For these compounds it will be probably  
21 in the 4 to 6 hundred degree range, for incineration  
22 maybe 1200 degrees or more. I really don't have data  
23 on just how far it would go in volatilizing and  
24 destroying other desirable organic constituents, it  
25 just depends on the particular compounds, the boiling

## Questions and Comments

1 point, the vaporization states of those compounds.

2 MR. HOWE: If I could, let me add -- I don't  
3 profess to be a real expert in this, but I believe, you  
4 know, some of the information Dave presented as far as  
5 volumetric considerations, he indicated that there is  
6 actually a volumetric reduction using incineration and  
7 that's essentially because there are, there is no  
8 organic matter left in it, at the end of it you've  
9 burned it all off, it's ash. You've completely  
10 sterilized that soil. There's nothing organic  
11 whatsoever in it at the end of it.

12 However, in the LTTD, if you noted in the  
13 slides he pointed out that the volumetric balance is  
14 essentially about equal going in and coming out. You  
15 don't really alter the volumetrics much from what you  
16 started, and I think that basically represents that  
17 you're leaving a lot of those materials there that the  
18 incinerator actually destroys and converts to ash. I  
19 mean it's, it's a delicate balance. Like Dave said,  
20 I'm sure you're destroying quite a bit of organic  
21 content in there. It's certainly not going to probably  
22 be as productive soil, you know, to grow.

23 MR. MARQUESS: What we have is clay, we don't  
24 have a lot of topsoil, I think of that volume it's  
25 pretty small percentage so there's, there's other holes



## Questions and Comments

1 out there if we, if we treat at the levels that are  
2 protective enough we could still use it at, you know,  
3 kind of low level fill.

4 MR. HOWE: That's right, we probably would  
5 not be utilizing that material as topsoil anyway. It  
6 would probably be placed underneath some, something  
7 else that we've considered topsoil and it would be some  
8 grade material anyway.

9 MR. ALLISON: Yes, Eric.

10 ERIC ORTH: My second question is looking at  
11 the large capital costs in association with using some  
12 plan, has any thought been given to modularizing it to  
13 a certain extent? If there is a treatment that's  
14 preferable, is there any way of looking at using it  
15 after we're done with it, sending it to another  
16 facility?

17 MR. HOWE: That's exactly what will happen.  
18 In fact, these are mobile units that we're talking  
19 about. They'll bring them in, they are modular  
20 already, they'll come in, load it on. I mean, in fact,  
21 one will be here in a month or month and a half, two at  
22 most. Anyway, they come in on the backs of 2, 3, 4, 5,  
23 whatever 18-wheelers that it takes to bring them in  
24 depending on their size, and they just bolt the pieces  
25 together and set it up and they go.

## Questions and Comments

1           And then when they're done, because they're  
2 only here for a few months at a time, they have, off  
3 they go to the next site, so that's exactly what these  
4 are.

5           ERIC ORTH: There's an initial capital cost  
6 and turn around and, say, send it to Badger (Sic) or  
7 something?

8           MR. HOWE: The capital costs we're talking  
9 are to bring it in and set up, all that sort -- it's  
10 not cost of the thing. We're only renting it for all  
11 intents and purposes.

12           MR. MARQUESS: By the way, that unit is not  
13 coming -- it's coming here to do another job.

14           MR. HOWE: Thanks for the clarification.  
15 However, it may be worthy of mentioning, however, at  
16 this point, too, as Dave indicated, that additional  
17 testing needs to be done on all these different  
18 treatment technologies, that, it's not the primary  
19 purpose for bringing, bringing it here in the next  
20 couple of months but there is an existing project for  
21 the so-called former fire training pit.

22           The selected technology that we went through  
23 a similar process on some time ago for the fire  
24 training pit and the contaminants that are in that site  
25 are to use low temperature thermal desorption, okay, so

## Questions and Comments

1 we are bringing an LTTD unit to Iowa AAP. It's due to  
2 be here during the month of September doing treatment  
3 of the soils on the fire training pit site, and because  
4 of the timing of this situation and because we need  
5 additional data to determine effectiveness, whatever  
6 the additional testing Dave was referring to for  
7 explosives destruction in an LTTD unit, we're going to  
8 use that same unit while it's here at the end of the  
9 fire training pit project, we are going to tack on a  
10 small test phase, if you will, for -- I don't know,  
11 three to five days, something like that, of operation  
12 to do a small amount of treatment in a test kind of way  
13 of the soils, of the explosives-contaminated soils  
14 which are currently stockpiled in the CAMU. So we are  
15 going to do some of the additional testing required  
16 Dave mentioned earlier in a couple of months, and we  
17 will know much better whether or not we have selected a  
18 good technology because of actual, real data with real  
19 soil from this site with a real unit pretty soon, so --

20 AL KAM: May I add, too, on these LTTD is  
21 they're not universal, LTTD units usually are developed  
22 for certain specific constituents. You might have one  
23 for volatiles, you may have one for PVC, you have one  
24 for larger volumes. What we're really looking at is a  
25 smaller one so it will be in a smaller unit. Most of

## Questions and Comments

1 these are built or designed by subcontracting, so  
2 really what you're doing is you're subcontracting it  
3 out to someone else who has proven it. So it isn't  
4 that the Army has purchased it, it's a unit that's  
5 coming from a private contractor who's being  
6 subcontracted to do the work based on previous  
7 experience of where he has worked, like at the fire  
8 training pit, for similar volatiles.

9 Now, in a situation here is that your  
10 differences will be in the amount of feed or the amount  
11 you're feeding it per hour, five to ten tons per hour,  
12 it depends on the type of soil you have, if you have to  
13 break it up, shred it or whatever, so that there's a  
14 difference where you have a sandy loam versus a fat  
15 clay, a fat, wet clay. There's a difference again if  
16 you're dealing with a wet clay, a wet, dense clay, then  
17 you have a slurry problem. Then another situation you  
18 have is residence time, how long does it have to take  
19 to stay in a certain portion of the unit in order to  
20 volatilize the contamination that you have and it gets  
21 cooled down and goes into a batch pile.

22 Then after that's done you sample it and if  
23 it passes then you normally either, normally in this  
24 case it will go into the Trench 6 Soil Repository,  
25 otherwise it's found that it did not pass the minimum

## Questions and Comments

1 requirements it may be basically sent through the unit  
2 a second time or there might be some adjustments to  
3 residence time, feed time, that sort of thing. So  
4 there's a lot of variables in different units, so when  
5 you say LTTD we could talk about it generally, but you  
6 just don't go out and get a unit because the units  
7 normally are very specific to the type of contamination  
8 they're dealing with.

9 MR. ALLISON: Well, let me introduce Al Kam,  
10 he's our technical representative from the Corps of  
11 Engineers. He's part of our team with the Army and  
12 works hand in hand with Kevin.

13 MR. HOWE: If I could, I'm going to add just  
14 one note to what Al just said.

15 The unit that's coming out here in a couple  
16 of months for, for the fire training pit project, as Al  
17 said, these are not just, they're not -- I mean,  
18 they're not cookie cutter-type units, I mean every one  
19 of them is different in their own kind of way. They're  
20 designed for a specific function and so forth.

21 That particular unit that we have coming at  
22 the site, as it turns out, because of the particular  
23 requirements of our project they are having to  
24 fabricate a modification to their unit and it is being  
25 done right now. I mean, so this unit is having, well,

## Questions and Comments

1 the contractor, subcontractor is fabricating a modified  
2 section of his, of his LTTD operation to be applied to  
3 our particular project, and, of course, he will  
4 probably use that in the future on similar-type needs,  
5 but, again, these have modular pieces, they can take,  
6 they can alter the configuration of the units to some  
7 degree to fit the needs of the specific project, and  
8 that's what is happening with this particular unit  
9 that's coming to IAAP in a couple of months.

10 MR. MARQUESS: This is a pretty common  
11 technology for environmental restoration, but it's not  
12 a commonly applied technology to the treatment of  
13 explosives, so there are some cost advantages here, but  
14 there are also some processing and technical  
15 uncertainties associated with it, so I think that's the  
16 purpose for the contingency that we have a remedy of  
17 bio treatments that's been proven at other facilities,  
18 and it's a cost competitive approach and we have  
19 facilities and space and logistics here to do it.

20 So I think, you know, it makes sense to take  
21 a look at the low temperature thermal treatment, but it  
22 also means, because it's not been done, that we're  
23 going to look at it closely in terms of emissions and  
24 risks and want you to know. You know, it's an  
25 incinerator-like unit, so we're going to look at it in

## Questions and Comments

1 that sense from a risk standpoint or emissions  
2 standpoint and if, in fact, we do the tests and it does  
3 look like it's feasible and that's what the remedy  
4 would be, they would, we would then come back and do a  
5 full-blown risk assessment to look at what the  
6 emissions might do and any impacts on the community  
7 around here and, and, you know, when we do that we  
8 would then present, share those results with the public  
9 and let you all have a chance to, you know, to comment  
10 again and be comfortable and voice your concern with,  
11 with how we would, how we would assess the risk and  
12 when we propose to operate the system, and if there  
13 were concerns at that point there would still be an  
14 option to implement the contingency, which would be bio  
15 treatment.

16 MR. HOWE: If I could, sort of an additional  
17 comment to Scott talking about that we would do the  
18 risk assessment and on the air emissions and that sort  
19 of thing, with the plant being as large as it is it  
20 does present some additional advantages in the way of  
21 protection of the public. There are some, you know,  
22 incineration or incineration-like operations have sort  
23 of a lot of bad press frequently associated with them,  
24 and in this particular case, you know, first of all, as  
25 Scott says, we would do our homework pretty well to

## Questions and Comments

1 make sure there isn't an unacceptable problem of some  
2 sort created by it in the first place; but in addition  
3 to that, I would say that we have the advantage at IAAP  
4 of being able to put it dead center, almost, of a 6 or  
5 a 30 square mile facility, which means that any  
6 emissions as minute as they would be are going to have  
7 to move, you know, 3, 4, 5 miles off from the center of  
8 the plant basically to any receptor off-site, and it  
9 really improves the situation as far as potential risk  
10 to any off-site receptors if there were any problems of  
11 any kind anyway, so --

12 MR. MARQUESS: It would be a short-term  
13 operation, in and out and be done, and so it wouldn't  
14 be something that is a long-term concern.

15 MR. ALLISON: Okay, any other questions?  
16 Larry.

17 LARRY ORR: In regard to the SVOCs and the  
18 off-site treatment there, do you have sites in mind  
19 that could handle that, and if so, where are they, how  
20 would you get the stuff there, and also help me  
21 visualize, how big is 200 cubic yards?

22 AL KAM: 200 cubic square yards, if you put  
23 them in roll-offs like you see from the trash company,  
24 assuming you had 20 cubic yard roll based on highway  
25 load, you would load them halfway to be safe, 10 to 20



1 cubic -- you've loaded them a little over half full,  
2 you're looking at 20 loads.

3 For locations on -- depending on where you  
4 want to send them, there could be a location in Ohio,  
5 there's a place, they call it Last Chance, Colorado,  
6 Highway 36 right east of Denver, that is certified TSDH  
7 that will take everything up to hydrazine, which is  
8 very corrosible and cancerous, so there are areas that  
9 will take it, it's just a matter of distance and cost.

10 MR. ALLISON: There's other, there's, I  
11 think, a location in Peoria and a location in Missouri.

12 MR. HOWE: Dave, tell you what, let me answer  
13 two ways here. First of all, let me answer your  
14 question about visualizing the quantity and then I'm  
15 going to go back to Dave. Since he did the research  
16 and did the costing on it he can tell you who he looked  
17 at, but if you're asking 200 cubic yards, that would  
18 be, oh, I'm sorry, yeah, that would be like 5 yards by  
19 5 yards by 8 yards gives you 200 cubic yards, so you  
20 can convert that to feet if you will, and you're  
21 looking at a 15 foot by 15 foot by 24 foot tall  
22 (Indicating) block, so it's, it's not really all that  
23 big. You know, very easily would fit into this space  
24 behind us in this room, so it's not real large.

25 MR. ALLISON: Okay, then, Dave, can you fill

## Questions and Comments

1 us in on some of the locations that you looked at?

2 MR. SCHARRE: As far as locations, the cost  
3 estimates were presented here were based on  
4 conversations with commercial waste disposal facilities  
5 and transport of this volume would probably be by  
6 truck. And the specific locations -- there are various  
7 ones that would go out for bids, and then they're  
8 selected on that basis. There are a variety of  
9 commercial facilities, different locations are open.

10 MR. ALLISON: Any other questions?

11 UNIDENTIFIED SPEAKER: In the proposed  
12 cleanup process is there any process that we are  
13 producing additional carcinogens that the public should  
14 be aware of?

15 MR. ALLISON: Are you speaking towards our  
16 current operations?

17 UNIDENTIFIED SPEAKER: No, the proposed.

18 MR. HOWE: In the treatment technology  
19 proposed, you mean?

20 UNIDENTIFIED SPEAKER: Yes.

21 MR. HOWE: Through LTTD are you saying are we  
22 going to create compound that inadvertently are going  
23 to be a problem? Scott, you're a guy to answer that.

24 MR. MARQUESS: Well, that's the purpose of  
25 the, I mean, for a low temperature thermal you're going

## Questions and Comments

1 to have air emissions, I mean that would be the primary  
2 by-product. The soil that you'd be treating would  
3 theoretically, I think we would believe it, that you  
4 could use it in your yard if it was, had organic value  
5 to it, so the soil would be clean then, it wouldn't  
6 have anything new or additional created.

7           There would be potential for air emissions  
8 with the intent that you would be addressing those. In  
9 this thermal treatment these would be low temperature  
10 to drive the contaminants out of the soil into the  
11 gaseous phase and then a secondary afterburner, higher  
12 temperature, longer residence time to destroy the  
13 organics to combust them to carbon dioxide and water,  
14 so the notion is that you produce CO2 and water out the  
15 stack of that incinerator.

16           Thermal treatment unit -- you don't produce  
17 solely that, there are other things that may be  
18 produced, other products of incomplete combustion, and  
19 those are the kinds of things that we'll assess or  
20 would assess in risk assessment. You know, there are  
21 thermodynamic considerations that would be -- hopefully  
22 some stack gas monitoring when we do this pilot test as  
23 well to get an idea what is coming out of the stack;  
24 and as I said, incineration has kind of been the  
25 treatment method of choice by the Army for treatment of

## Questions and Comments

1 explosive-contaminated soil across the country and so  
2 there would be a data base to rely on for past  
3 treatment operations to see that, to provide some level  
4 of comfort with what is coming out so we can compare  
5 it.

6 But that would be evaluated, as I said, that  
7 would be something that we'll come back and share that  
8 we've done evaluation, we believe this is the kind of  
9 things that would possibly be emitted and these would  
10 be the associated kind of risks and, you know, maybe  
11 there would be certain areas around the plant at least  
12 on prevailing winds that would be more potentially  
13 exposed than others, so -- and there may be not  
14 receptors there, either.

15 MR. HOWE: But there's additional controls  
16 one can put on it. The initial look would indicate  
17 that there may be some unacceptable by-products of  
18 combustion, additional things can be added to the, to  
19 the treatment technologies, scrubber, air scrubbers,  
20 other, other technologies that can help reduce the  
21 emissions that might otherwise be created.

22 MR. MARQUESS: The risk assessment kind, it  
23 can drive, well, will drive the design of the unit.  
24 There's kind of going to be off-the-shelf design that's  
25 kind of standard operating practice, but as you look at

## Questions and Comments

1 what you're treating and the processing condition, if  
2 you see in the risk assessment that you aren't meeting  
3 the criteria that you need to meet, then you can do  
4 other things to address that, and if you can't, if you  
5 can't do that, then we won't do it. We won't.

6 MR. HOWE: Scott is correct and your question  
7 is headed in the right direction. I mean, any kind of  
8 a burning operation, if you will, anything with a flame  
9 produces -- you know, it produces some additional  
10 emissions of the sorts that may not be the desired  
11 effect. However, these particular units are designed  
12 in such a way, first of all, to create minimal  
13 quantities of those in the first place so interior to  
14 the system there is not a great deal of it created in  
15 the first place.

16 Although, you know, I don't think anybody  
17 here would want to say that none is created, it's not  
18 zero, it's just very small, and then there are the  
19 additional controls that are provided to eliminate some  
20 of the things that are created from actually going out  
21 the stack, and then even that, though, you still can't  
22 say it's zero going out the stack. But at that point  
23 you'd take over with the risk assessment things that  
24 Scott is talking about where you have a few molecules  
25 that do go out the stack -- what happens to them, where

## Questions and Comments

1 do they go, how far will they move, what potential  
2 receptors would be there, that sort of thing, and is  
3 that any particular problem for that amount of material  
4 to go out the stack.

5 LARRY ORR: You'll have continual monitoring  
6 throughout the treatment, then?

7 MR. HOWE: Oh, yes, that's an absolute  
8 mandatory requirement of major proportion. I mean, if  
9 we weren't already inclined to do so on our own, which  
10 we are, EPA would be certain to make sure we were to do  
11 it anyway.

12 MR. MARQUESS: That's why they're modifying  
13 their other unit. We have --

14 AL KAM: Normally what you would see, you  
15 would have a stack area, you would have stack  
16 monitoring to see what we've got for wind direction,  
17 and on the LTTD unit that was chosen, the vendor was  
18 solicited based on treating contaminated constituents  
19 similar to what we had in our fire training pit, so it  
20 wasn't like going out to Joe Blow, saying, Hey, we  
21 found out you've got a unit, give us a price.

22 It's got to be a selected process where you  
23 went out to vendors that had a record of doing work and  
24 they provided records saying, yes, we treated these  
25 constituents that are similar to what you had, and then

## Questions and Comments

1 the idea was, well, we may have a couple more, can you  
2 handle this based on your experience, so that's how the  
3 evaluation was made. It wasn't, like, opened up, yeah,  
4 we'll take the low bid just because you've got a unit.

5 MR. MARQUESS: If we get to the point where  
6 we're going to do it, it will be we've proven the  
7 feasibility of this process, get into the risk  
8 assessment process. We have a lot of experience at  
9 EPA, we're the ones responsible in our region, we were  
10 the ones for doing the Times Beach incinerator. I  
11 don't know if you -- But we do have experience with  
12 incinerators. We have technical expertise in  
13 incinerator operations.

14 We also have a lot of expertise -- well, we  
15 have toxicologists and risk assessors and we're doing  
16 -- Region 7 is -- we just in Mead, Nebraska, the former  
17 Nebraska Ordnance Plant, Region 7, has just  
18 participated in an Army project where they burned about  
19 10,000 yards of explosive-contaminated soil, and then  
20 this summer in Saint Louis at the Weldon Spring  
21 Ordnance Plant, former Weldon Spring Ordnance Plant  
22 going to be another incinerator project that people  
23 from our region are going to be involved.

24 So I think we have a lot of experience in our  
25 region with looking at incinerator operations and in

## Questions and Comments

1 incinerator risk assessments, and when we get to that  
2 point here I would bring those people in to help  
3 explain, you know, in detail and answer your questions  
4 as to what is going on with what we would be doing here  
5 at the plant.

6 MR. HOWE: If I could, too, I might add in  
7 addition to his experience base at EPA Region 7, maybe  
8 not his personally, but the organization's experience  
9 base, I can say much the same thing about the Omaha  
10 District for the Corps of Engineers. I've not  
11 personally had a great deal of incinerator experience,  
12 but many people within our district have. We have done  
13 numerous large-scale incineration projects, including a  
14 couple that he just mentioned have been done by Omaha  
15 District people, and as we get into the details of  
16 actually doing such a project, those people who have  
17 those, that experience on our staff will be helping  
18 pull together the performance specifications and the  
19 contract requirements which would then be reviewed by  
20 his experts who have similar experience, and so there's  
21 a fair amount of experience that would be brought to  
22 bear against getting this done right, so --

23 AL KAM: If I could add, the Corps in 1988 or  
24 '89 and again in about 1994, '95, did two large salt  
25 incineration burns at Cornhusker Ammunition, Cornhusker



## Questions and Comments

1 Ammunition Plant at Grand Island in central Nebraska,  
2 of which I'm also technical manager there. I also was  
3 involved in Rocky Mountain Arsenal liquid incinerator,  
4 which would cost at about 15 million dollars to build  
5 and about another 60 to 90 mill to operate, and we  
6 burned a liquid in it, then the whole total facilities  
7 was demolished and razed, and I don't know where the  
8 parts were sent -- elsewhere.

9 I was also involved in about a 10 million  
10 dollar LTTD unit up in upper Michigan with similar type  
11 solvent type constituent, I guess the unit there came  
12 in on several semis. In order to stabilize it they had  
13 to actually put down building-type footings, to give  
14 you an idea of how large and heavy this unit was.

15 MR. ALLISON: All right. Any other  
16 questions?

17 MR. HOWE: Aside from process or technology,  
18 is everybody understanding the, the more administrative  
19 end of this whole thing? This is, as you can tell,  
20 some of you are LAP members, you know, those are fairly  
21 informal. This is a little bit more formal than that  
22 setting. It's an administrative requirement that we go  
23 through this step as we are with the feasibility study,  
24 the proposed plan and eventual ROD, and all of this is  
25 a very formalized-type process.

## Questions and Comments

1           As Rodger said, you know, we're in the middle  
2 of the formal public comment, which is due to close on  
3 July 20th, so we're -- well, we're only 11 days from  
4 actually closing out the public comments period, and,  
5 you know, I just kind of want to make sure everybody is  
6 comfortable. If you have comments or questions or  
7 anything like that, you know, the process allows for  
8 you to raise your questions, concerns, comments,  
9 whatever. You can put them in writing, you can -- I  
10 believe that the process with our court reporter here  
11 means that we will be able to respond to comments and  
12 questions in writing that are provided verbally here  
13 tonight, but otherwise written comments, questions,  
14 otherwise concerns can come in prior to the, or by the  
15 20th of July and we'll, as Rodger said earlier, provide  
16 written response to all of these things that become a  
17 part of the ROD, itself, so everybody is kind of  
18 comfortable with what it is we're doing.

19           MR. MARQUESS: The idea is, you know, despite  
20 what may be the appearance, we really haven't selected  
21 anything here as of yet and there are things that we  
22 haven't considered or, you know, we should consider or  
23 we look at the things we did consider or you just don't  
24 like anything, now is the time to say something and,  
25 you know, those things will be considered and evaluated

## Questions and Comments

1 if people have, you know, problems with what we  
2 selected or how, the rationale for how we've come to  
3 the point where we are.

4 MR. HOWE: We're getting pretty close to  
5 formalizing a final decision, but it is not yet final  
6 yet, that's the point. Now is the time to have your  
7 say if you want to do so.

8 LTC HEWITT: The public is probably pretty  
9 satisfied. If this was about a shooting range out at  
10 West Burlington we might have a different --

11 MR. ALLISON: All right. Once again I'll  
12 open the floor to any other questions, comments.

13 Okay, hearing done. I thank you very much  
14 and good night.

15

16 (End of proceedings, 8:18 p.m.)

17

18

19

20

21

22

23

24

25

## 1 CERTIFICATE OF REPORTER

2 STATE OF IOWA

3 COUNTY OF DES MOINES

4

5 I, M. Jane Weingart, a Certified Shorthand  
6 Reporter in and for the State of Iowa, hereby certify  
7 that I acted as the court reporter for the captioned  
8 Public Meeting and that I reported the proceedings in  
9 machine shorthand correctly.

10 I further certify that the foregoing transcript  
11 consisting of 51 pages constitutes a true, complete,  
12 and correct transcript of my shorthand notes as taken  
13 by me on the date indicated.

14 Dated this 20th day of July, 1998.

15

16

17

18

M. Jane Weingart C.S.R.

19

M. Jane Weingart  
Certified Shorthand Reporter

20

21

22

23

24

25